

ORIGINAL

OFFICIAL TRANSCRIPT
PROCEEDINGS BEFORE

THE SUPREME COURT OF THE UNITED STATES

DKT/CASE NO. 82-1005; 82-1247; 82-1591

TITLE CHEVRON U.S.A., INC., Petitioner v. NATURAL RESOURCES
DEFENSE COUNCIL, INC., ET AL.
AMERICAN IRON AND STEEL INSTITUTE, ET AL., Petitioners v.
NATURAL RESOURCES DEFENSE COUNCIL, INC., ET AL.; and
WILLIAM D. RUCKELSHAUS, ADMINISTRATOR, ENVIRONMENTAL
PROTECTION AGENCY, Petitioner v. NATURAL RESOURCES DEFENSE
COUNCIL, INC., ET AL.

PLACE Washington, D. C.

DATE February 29, 1984

PAGES 1 thru 43

AR
ALDERSON REPORTING

(800) 633-6333

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

IN THE SUPREME COURT OF THE UNITED STATES

----- X
CHEVRON U.S.A. INC., :
Petitioner :
v. : No. 82-1005
NATURAL RESOURCES DEFENSE COUNCIL, :
INC., ET AL.; :
----- :
AMEFICAN IRCN AND STEFI INSTITUTE, :
ET AL., :
Petitioners :
v. : No. 82-1247
NATURAL RESOURCES DEFENSE CCUNCIL, :
INC., ET AL.; and :
----- :
WILLIAM D. RUCKELSHAUS, ADMINISTRATOR, :
ENVIRONMENTAL PROTECTION AGENCY, :
Petitioner :
v. : No. 82-1591
NATURAL RESOURCES DEFENSE COUNCIL, :
INC., ET AL. :
----- X

Washington, D.C.

Wednesday, February 29, 1984

The above-entitled matter came on for oral
argument before the Supreme Court of the United States
at 2:03 o'clock p.m.

APPEARANCES:

PAUL M. BATOR, ESQ., Office of the Solicitor General of
the United States, Department of Justice, Washington,
D.C.; on behalf of petitioner.

DAVID D. DONIGER, ESQ., Washington, D.C.; on behalf of
respondent.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C C N T E N T S

ORAL ARGUMENT OF

PAGE

PAUL M. BATOR, ESQ.,

on behalf of the petitioner

3

DAVID D. DONIGER, ESQ.,

on behalf of the respondent

20

PAUL M. BATOR, ESQ.,

on behalf of the petitioner - rebuttal

38

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

CHIEF JUSTICE BURGER: Mr. Bator, I think you may proceed whenever you are ready.

ORAL ARGUMENT OF PAUL M. BATOR, ESQ.,
ON BEHALF OF PETITIONER

MR. BATOR: Mr. Chief Justice, and may it please the Court, this case involves the validity of an important regulation issued by the Environmental Protection Agency under the Clean Air Act Amendments of 1977.

The regulation addresses the question of what counts as a "source" for purposes of activating a permit program called the new source review program. Under the statute, the states must impose new source review in certain areas of the country in situations where construction or modification of a major stationary source of air pollution would lead to significant emissions increases, and the question is: What is a source?

The regulation at issue allows the states -- it doesn't compel them -- it allows them to adopt a plant-wide definition of the term "source." This is sometimes called the bubble definition. The Court of Appeals of the District of Columbia held that the bubble definition is unlawful; that the administrator has no

1 discretion in how to define "source"; that the statute
2 compels one rigid definition; and we are here asking
3 this Court to correct that holding and to hold that the
4 regulation and the definition fell within the lawful
5 discretion of the administrator.

6 QUESTION: Do you suppose the Court of Appeals
7 would have had the same view had the agency taken the
8 same definition from the outset?

9 MR. EATOR: We believe so. The Court of
10 Appeals did not seem to be worried about the fact --

11 QUESTION: That it's changed its mind.

12 MR. BATOR: -- that the agency has in fact
13 exercised its discretion in a number of different --

14 QUESTION: Ways, yes.

15 MR. BATOR: -- with a number of different
16 resolutions of the problem from time to time.

17 The relevant provisions of the Act, I want to
18 give a little bit of background here to the statutory
19 structure. They comprise Part D of the Act, and they
20 were passed in '77 to regulate so-called "nonattainment
21 areas," those areas of the country that had not in 1977
22 met the original deadlines for attaining national air
23 quality standards. For these areas, the Congress in '77
24 adopted a rather elaborately calibrated set of
25 requirements which were designed to achieve three

1 overall goals:

2 One was to assure steady progress toward
3 attainment; second, to encourage economic growth through
4 the creation of new plant and equipment even during this
5 period of movement toward attainment; and third, to
6 assure that states should have increased flexibility in
7 organizing their own antipollution strategies. These
8 were the three central animating conceptions.

9 Now Part D is comprised of a complex of
10 provisions. The centerpiece is the obligation on the
11 state to create new state implementation plans. These
12 are the things called "SIPs," and these must require
13 annual incremental reductions in emissions which
14 constitute reasonable further progress towards
15 attainment.

16 The statute also requires the SIP to impose
17 what is called "reasonably available control technology"
18 on all existing sources. These requirements have
19 nothing to do with a bubble. These are the principal
20 engines that are supposed to drive the state toward
21 attainment.

22 In addition, as one element of the scheme,
23 Part D creates the new source performance, sometimes
24 called NSR -- sorry, new source review, NSR program.
25 Now this imposes stringent conditions before a permit

1 may be issued to construct new sources of pollution.
2 These conditions are very severe.

3 For instance, one is a requirement that
4 so-called state of the art, and therefore very
5 expensive, control technology be installed on all new
6 sources. It is this technology that in the trade is
7 sometimes called LAER, or LAER technology.

8 Now Part D does not itself define what is a
9 source for purposes of activating this NSR program. In
10 fact, the agency has ever since 1977 assumed that it has
11 some discretion in how to define what counts as a
12 source.

13 QUESTION: Mr. Bator, can I interrupt you
14 right there, because this is one thing I wasn't clear on
15 from the brief. You say the statute does not define the
16 term "source," and your opponents say it does.

17 MR. BATOR: Part D does not define "source."

18 QUESTION: Well, then, does the definition of
19 "stationary source" in Section 111 --

20 MR. BATOR: That is one of the big disputes in
21 the case.

22 QUESTION: Oh, so it is an issue as to whether
23 that --

24 MR. BATOR: Whether that --

25 QUESTION: They don't agree with you, then,

1 that there's no definition.

2 MR. BATOR: Right. We say it doesn't apply.
3 We say even if it does, it does not exclude the bubble.
4 So we take both positions. But there is a dispute about
5 whether it applies --

6 QUESTION: But there is a statutory definition
7 of the term "stationary source," but you say that (a)
8 the definition does not apply to Part D?

9 MR. BATOR: That definition, Your Honor, was
10 enacted by Congress in 1970 --

11 QUESTION: I understand.

12 MR. BATOR: -- in Section 111 in the context
13 of a separate program called the new source performance
14 standard program.

15 QUESTION: And it's your position that in
16 1977, was it, they intended the word "source" to have a
17 different meaning than it had in the already enacted
18 statute?

19 MR. BATOR: We're saying that they did not
20 intend to carry over or to incorporate the Section 111
21 definition. The Section 111 definition itself says,
22 "for purposes of this section source means". The
23 provisions which are at issue here, which were enacted
24 seven years later, do not make an explicit
25 cross-reference to Section 111.

1 QUESTION: And you think that would be
2 necessary for us to assume --

3 MR. BATOR: Not always, Your Honor, but in
4 this case there is additional history, Justice Stevens.
5 In this case in the Senate bill that was before the
6 Congress in both '76 and '77, there was an explicit
7 cross-reference to the Section 111 definition of
8 source. The Conference Committee removed that. In
9 fact, the Conference Committee rejected the Senate bill
10 and adopted the House approach to new source review.

11 The statute as it was enacted did include some
12 explicit cross-references to other Section 111
13 definitions, but not to the definition of source. So we
14 look to that history, and we say there seems to have
15 been at least some indication that Congress did not want
16 to tie the new NSR program to that definition of
17 source.

18 And that makes sense to us, Your Honors,
19 because the fact is that the way that definition works
20 in the 1970 NSPS program would be very different -- that
21 is, to carry it over would not make much functional
22 sense, because that's a very different program and it
23 operates in a very different way.

24 QUESTION: And of course the language of the
25 definition tends to cut against you somewhat, I think,

1 because it's any building or any facility, and you would
2 say that if you've got three buildings in a plant, that
3 you don't count the buildings separately.

4 MR. BATOR: Your Honor, our position is that
5 even if the definition applies, the most sensible
6 reading of it is that within the definition there is
7 room to adapt it, and that the Congress must have
8 intended some administrative discretion to adapt it to
9 the functional needs of the various Clean Air Act
10 programs.

11 An illustration of that would be, there is
12 still another program enacted in 1977. That was the
13 Part C program to prevent deterioration of air quality
14 in areas of the country which had attained national
15 standards. In that program also the agency has said
16 that the bubble definition, even though using the same
17 language as in the Section 111 program, has in that
18 adaptation used the bubble definition. And oddly enough
19 in that context, the Court of Appeals upheld it saying
20 that there is discretion to adapt the definition to meet
21 the various different substantive needs of the various
22 programs.

23 QUESTION: Mr. Bator, even assuming, arguendo,
24 that your position is correct that the definition of
25 source in the previous legislation was not carried over

1 for the new source review, what appears to me to have
2 been done here is that EPA has defined source for
3 purposes of 7503 in Part D two different ways. It's
4 given a broad scope definition for purposes of
5 structuring the bubble for emissions control, and then
6 it's ignored the word source and referred to emissions
7 units for purposes of engaging lowest achievable
8 emission rate.

9 So really EPA has defined source two different
10 ways, it seems to me, within the same section for new
11 source review. And would you explain that to me?

12 MR. BATOR: Your Honor, the reference to what
13 counts for purposes of the imposition of LAER
14 technology, which is the latter example used, is not
15 meant to be a definition of the word "source" at all.

16 QUESTION: Well, but it says "source" in the
17 statute: The proposed source is required to comply with
18 the lowest achievable emission rate.

19 MR. BATOR: Well, of course in order to get
20 into LAER it has to be a source, but once you get to the
21 imposition of LAER technology of course we are there
22 talking on a unit-by-unit or machine basis because
23 that's what the technology is imposed on.

24 QUESTION: Well, it just seems to me that EPA
25 has seized upon the word "source" in Part D and has said

1 we're going to define it, but then has chosen to define
2 it two different ways, one for the emission bubble
3 purpose in a different way, a much more restrictive way,
4 for the LAER purpose.

5 MR. BATOR: Your Honor, I think that EPA was
6 not purporting to create a definition there. When we
7 get to the imposition of LAER technology, the only
8 meaningful use of the word "source" is that a -- is the
9 particular piece of equipment because we're talking
10 about technology-forcing equipment.

11 So that these are two different contexts and
12 two different conceptual universes. One is, when is a
13 whole administrative scheme triggered at all? Once it
14 is triggered and you are in section 1.73 and LAER has to
15 be imposed, it has to be imposed on particular pieces of
16 machinery and equipment. But it doesn't have much
17 meaning to think about LAER, which is specific
18 technology, in the context of a plant.

19 So we don't think there really is an
20 inconsistency, Your Honor, although there may be a
21 verbal one. But we don't think that they were trying to
22 define the term "source" when they were speaking about
23 how the LAER requirement operates. It's an operational
24 question in that context.

25 QUESTION: Well, is that the same, Mr. Bator,

1 that while they use the plant-wide definition to
2 determine whether a source is new or modified, once
3 they've determined that it's modified they impose only,
4 as you said, the machine LAER requirements?

5 MR. BATOR: Absolutely. Absolutely. The
6 plant-wide definition cannot --

7 QUESTION: Well, suppose they determine that
8 it's a new, rather than a modified, a new source? Same
9 thing?

10 MR. BATOR: There are statutory definitions of
11 what is a new and what is a modified source, and they
12 have somewhat different significance.

13 QUESTION: Well, perhaps I'm getting into
14 something a little different. That is, they impose the
15 LAER requirement only on the particular machine after
16 they've determined, using the plant-wide definition,
17 that the source is either new or modified.

18 MR. BATOR: Yes, sir.

19 QUESTION: Now I understand that's done when
20 they determine the source is modified, but what when
21 they determine the source is new? Is that still the
22 same thing?

23 MR. BATOR: When a source is new, the
24 plant-wide and the --

25 QUESTION: Well, what about the --

1 MR. BATOR: -- individual --

2 QUESTION: What about the LAER standard? How
3 is that imposed, on what, when they determine it's a new
4 source?

5 MR. BATOR: When you create a new plant, then
6 by definition you have a source because you don't have
7 an offset. That is, when you build a new plant.

8 QUESTION: So then the LAER requirements apply
9 over the whole plant when it's a new source?

10 MR. BATOR: The LAER requirement insists that
11 when you're building a new plant, the state-of-the-art
12 technology be imposed on all of the equipment --

13 QUESTION: I see.

14 MR. BATOR: -- or on sufficient equipment
15 within the plant so that the -- so that the offset and
16 other requirements are met, Your Honor.

17 QUESTION: I see.

18 MR. BATOR: The bubble concept really has
19 operational significance only in the context where you
20 have an existing plant.

21 QUESTION: Forgive me for interrupting you
22 once more.

23 MR. BATOR: Yes.

24 QUESTION: NFDC says that the EPA regulations
25 allow the use of the plant-wide definition even in

1 states, even in states that haven't adopted a SIP. Is
2 that true?

3 MR. BATOR: I believe that is not so, Your
4 Honcr.

5 QUESTION: That is not so?

6 MR. BATOR: That is the plant -- there may be
7 an ambiguity there, and I just want to be very sure to
8 be scrupulous. I believe the requirement was that the
9 bubble definition could only be adopted by those states
10 that were issuing SIPs that met all the other
11 requirements of the statute -- that is, that put down
12 the requirements for reasonable further progress and for
13 the installation of controlling technology on existing
14 sources.

15 QUESTION: Well, perhaps I should have asked
16 NRDC to discuss that.

17 MR. BATOR: It may be that they meant there
18 the use of the bubble concept in the concept of the
19 moratorium, which is a slightly different context, and
20 it may be that that is what they're talking about. And
21 there is a use of the bubble concept outside of the
22 context of an approved SIP in those states which fall
23 under the so-called construction moratorium.

24 I think maybe it would be well for me just to
25 say a word about how we think the bubble system works as

1 a matter of the administrative technique that is
2 invclved.

3 The point of the bubble system is that for
4 purposes of determining whether this complex of
5 administrative requirement is triggered, you look at the
6 plant as a whole. And that assumes an existing plant.
7 And you -- it's as if the entire plant were encased in a
8 plastic bubble with a single emissions hole at the top.

9 Now if you have new construction or expansion
10 within that plant that increases net pollution
11 plant-wide more than a de minimus amount, then
12 everybody's agreed that new source review comes into
13 play. But under the bubble approach, within a plant an
14 individual machine can be added or modified without new
15 source review if additional pollution from that new
16 construction is offset by reductions or elimination of
17 another machine so that there is no significant
18 additional net increase.

19 QUESTION: May I ask a question about your use
20 of the word "significant," Mr. Bator? Section
21 75.11(a)(4), which I think governs the new source review
22 engagement says that any increase in pollution engages
23 the review. And the regulation seems to have adopted a
24 "significant increase" definition, not just "any
25 increase." And then there are a variety of levels

1 imposed, 100 tons for certain kinds, and 60 tons for
2 others, and so forth. What is the justification for
3 that?

4 MR. BATOR: Your Honor, the answer to this is
5 I believe not in dispute between respondents and us.
6 They way this works, that is the reason there are
7 significance levels in this situation is because the
8 statute only comes into operation if there is a major
9 stationary source. That itself is defined as --

10 QUESTION: Well, that's defined, but I think
11 the section does say any increase in pollution engages
12 review under new source review, and I just wondered how
13 we then by regulation get to "significant levels."

14 QUESTION: Well, as I say, it comes in in a
15 number of different ways. The statute first of all says
16 that if you are building something that is less than 100
17 tons per year, that it's not a major source at all; and
18 under either definition there is no new source review.
19 That is, if I put up a new plant that is 99 -- this is
20 now new plants.

21 With respect to modifications, the statute
22 says there has to be a major modification before any of
23 this comes into play. Now the administrator issued
24 regulations interpreting the term "major
25 modifications." That was upheld by the Court of Appeals

1 in the Alabama Power case as lawful. That is, as it
2 were, the source of the significance levels, about which
3 the legality of which I believe there is really no
4 dispute, and which really operate whether you have a
5 bubble definition or a plant-wide definition.

6 That is, under the plant-wide definition, too,
7 it is now the regulatory structure that if you have a
8 modification that, for instance, increases a machine by
9 less than 40 tons per year with respect to one of the
10 pollutants, that the NSR review would not come into play
11 under either definition, whether that is a source or
12 not.

13 I don't believe that there is a dispute
14 between the parties about the legality of the
15 establishment of the significant levels. The relevant
16 authority on that is the Alabama Power case where the
17 Court of Appeals examined this very question and said
18 that, in light of the legislative history, it is
19 inconceivable that Congress should have meant that a
20 very elaborate and very expensive administrative
21 mechanism come into play in the case of trivial changes
22 in emissions levels.

23 Of course our submission, Your Honor, is that
24 it is not at all the case that every time there is a
25 change in plant or machinery under the bubble definition

1 that there is going to be any increase whatever. The
2 plant definition may very well create reductions in
3 emissions levels. Because if I have a machine that for
4 instance pollutes at 500 now, an existing machine that
5 pollutes say at the level of 500 tons a year, suppose
6 that I want to install a brand new and very efficient
7 new machine that only pollutes at 450. That would be a
8 net decrease in 50.

9 Under the bubble definition, NSR would not
10 come into play at all because you have an offset, and
11 therefore I can install the new machine. Under the
12 plant --

13 QUESTION: If you install another machine that
14 polluted 50 tons more than your old one, you could still
15 install it if you reduced the emissions in some other
16 part of the plant by 50?

17 MR. BATOR: Right, Your Honor. If we collect
18 enough offsets within the plant so that there is --

19 QUESTION: So you may in a modification -- you
20 don't have to employ the state-of-the-art in
21 modifications.

22 MR. BATOR: If the net increase in the plant
23 is offset with anything other than de minimus.

24 QUESTION: But you do require new source
25 performance standards to be applied --

1 MR. BATOR: Those are required in any event.

2 QUESTION: -- apparently to the individual
3 pieces of equipment.

4 MR. BATOR: Those are required in any event.

5 QUESTION: But not the LAER --

6 MR. BATOR: No, the LAER --

7 QUESTION: -- if it falls within your --

8 MR. BATOR: That is right. The LAER is
9 required only if you have a source that is a source
10 within the meaning of new source review. The new source
11 performance standard technology has to be installed
12 across the board, whether the new source review program
13 is or is not in operation.

14 QUESTION: But if you look at Section 7501(3)
15 it looks like LAER has to be applied. It just --

16 MR. BATOR: I don't believe so. I don't think
17 that that purports to be a definition of when the
18 regulatory requirements apply. It purports to explain
19 what happens to that piece of equipment once you've
20 decided that the program is in operation.

21 I think I would like to reserve the rest of my
22 time for rebuttal.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHIEF JUSTICE BURGER: Mr. Doniger.

ORAL ARGUMENT OF DAVID D. DONIGER, ESQ.

ON BEHALF OF RESPONDENT

MR. DONIGER: Mr. Chief Justice, and may it please the Court, as Mr. Justice Stevens has said, the question in this case is whether the statute defines the term "stationary source" for the purpose of this program, and we contend that it does.

Section 110(a)(2)(D) is the key provision. Section 110(a)(2), as this Court has held in the Train case is what sets forth the mandatory contents of every state plan. Subparagraph (D) establishes what each state plan must contain in the way of new source review requirements. Subparagraph (D) uses the term "source" twice. One use of that term is explicitly tied to Section 111, and the definition of source in that Section 111 is, a source is a building, a structure, a facility, or an installation.

The other use of the term is in a clause not five lines away which requires each state plan to contain a permit program as provided in part (D). The two uses of the term in the same subparagraph ought to be presumed to have the same meaning. That's the only reasonable conclusion, particularly when you look at the legislative history of subparagraph (D).

1 Subparagraph (D) is the result of Congress'
2 having looked at the new source review procedure that
3 was provided in Section -- in subparagraph (D) in the
4 1970 Act, deciding that it was inadequate, that it did
5 not provide for careful review of new sources, and
6 deciding that it needed to be strengthened by creating
7 the permit program that we find in Section 173.

8 It is not credible to suggest that when
9 Congress amended subparagraph (D) in 1977 to add to it
10 the permit program for stationary sources. It meant the
11 term "stationary sources" to mean something new,
12 something different than it already meant in the same
13 subparagraph.

14 Well, having established that the two uses of
15 the term have the same meaning, what is that meaning?
16 Again, as Mr. Justice Stevens has suggested, a term such
17 as building and structure plainly refer to individual
18 industrial units like boilers and blast furnaces, things
19 that actually produce pollution. These terms, we
20 contend, can't reasonably be defined exclusively as
21 entire plants.

22 The 1977 legislative history, moreover,
23 specifically rules out the bubble definition that EPA
24 has adopted. It explicitly bars a new project from
25 escaping the permit review just by obtaining an offset

1 from within the same plant. And I refer you to page 36
2 of our brief which quotes the statement of Senator
3 Muskie who was chairman of the Senate Conference, and he
4 was explaining the meaning of the permit program
5 required by the Conference bill to be included in every
6 state plan.

7 He said, "... , a new source is still subject
8 to such requirements as 'lowest achievable emission
9 rate' even if it is used as a replacement for an older
10 facility resulting in a new reduction from previous
11 emission levels."

12 He was there explicitly referring to the
13 situation where someone takes a facility in a plant,
14 retires it, and replaces it with a new one, a new boiler
15 or blast furnace. And he said, you're still subject to
16 permit review. You cannot get out of the permit review
17 simply by getting an offset.

18 Now the reasons why Congress was not satisfied
19 with just an offset that keeps the pollution from
20 increasing are plain in the requirements and purposes of
21 Section 173. In enacting that section, Congress made it
22 clear that it wasn't enough just to keep pollution from
23 increasing. First, pollution had to be made to
24 decrease. The offset that's required in Section 173(1)
25 is an offset which is more than equal to the pollution

1 that the new boiler is going to add. The pollution
2 overall has to be reduced.

3 QUESTION: Well, even under the government's
4 position, though, the state plan is going to have to,
5 whether it uses the bubble concept or not, is going to
6 have to have an annual improvement in the air quality.
7 The plan has to aim at that. It has to be reasonably
8 aimed at achieving that.

9 MR. DONIGER: The government I think is
10 arguing that if the plan makes up the lost ground by not
11 having the source -- not having the thing subject to the
12 permit review, then it doesn't make any difference. But
13 the Act itself --

14 QUESTION: All I was saying is that even under
15 the government's view, the air quality is going to have
16 to steadily improve.

17 MR. DONIGER: That's correct.

18 QUESTION: It would just improve faster and
19 more under your view.

20 MR. DONIGER: Well, what we have here is
21 Congress deciding that new sources were going to have to
22 play a specific role in that reducing of pollution, and
23 the plan was going to have to make whatever residual
24 reduction was necessary from any other source the
25 state --

1 QUESTION: Right.

2 MR. DONIGER: -- provided.

3 But Congress not only wanted the new sources
4 to produce that reduction, but to do two other things,
5 as well. The first was, they were supposed to put on
6 the lowest achievable emission rate technology,
7 technology which is defined as equal to the best that
8 somebody of that kind is already using, in order to make
9 the lowest possible -- the least possible call on the
10 air quality, on the pollution reduction opportunities
11 that that state has.

12 We have states which are way over the limit
13 for the amount of pollution that they can have in
14 compliance with the health standards. They have to
15 reduce that. Most of that reduction is going to have to
16 come from existing sources.

17 QUESTION: Well, of course under -- I guess
18 suppose at least theoretically it may be that your
19 position, if we adopted it, wouldn't improve the air
20 quality in these regions any faster. Because even if
21 you used a -- even if you were required to use the best
22 piece of equipment that you could, you may not -- you
23 may not go to the trouble of reducing the emissions in
24 some other part of the plant that you would if you were
25 allowed under the bubble concept.

1 MR. DONIGER: Well, under Section 173 you have
2 to do three things. You have to make that offset --

3 QUESTION: Yes.

4 MR. DONIGER: -- so that you get a net
5 reduction. You have to use the best technology which
6 makes it easier, by the way, to meet that first
7 requirement because your offset doesn't have to be as
8 big. And the third requirement, which is in 173(3), is
9 that the new source -- the firm building the new source
10 has to demonstrate that its existing sources are in
11 compliance with the requirements that apply to them.
12 These are three things that Congress wanted the permit
13 process to provide.

14 EPA is suggesting that if you only do one of
15 those things, if you only offset pollution back to the
16 starting point, you have done everything that Section
17 173 intended that Congress wanted done, and that is not
18 correct. Congress wanted pollution offset beyond the
19 starting point. Congress wanted the best technology put
20 on these new facilities, and Congress wanted the company
21 building them to make sure that it was complying with
22 the law at each of its other facilities in the same
23 state. Those things are lost.

24 QUESTION: Well, under the government's view,
25 I take it, that if a new piece of equipment could be

1 brought into a plant that would increase emissions by
2 500, that would be permissible as long as somewhere else
3 in the plant they reduced emissions by 500.

4 MR. DONIGER: Well, by 460 because the levels
5 allow actual increases.

6 QUESTION: All right. In any event, as long
7 as they reduced emissions sufficiently in some other
8 part of the plant. You say that if it were possible in
9 putting in the new piece of equipment to increase
10 emissions less, they must use that.

11 MR. DONIGER: That's right.

12 QUESTION: Well, if they must do that, and if
13 they did it, it may be that they wouldn't go to the
14 trouble of reducing emissions somewhere else in the
15 plant.

16 MR. DONIGER: If, for example, in your
17 hypothetical that the application of the advanced
18 technology meant that the boiler would increase
19 pollution by 400 instead of by 500 tons, then the offset
20 would be correspondingly less and, to the extent that
21 you had used up some opportunity for reduction, just to
22 stay even with the new boiler, the state could use that
23 reduction opportunity to make further progress towards
24 the standards.

25 So if you have poorly controlled new sources

1 coming in, then just staying even requires going deeper
2 into the well of offset opportunities, and it makes it
3 even harder to meet the health standards or the
4 deadlines which Congress has required they be met by.

5 So a great deal is being given up when a major
6 source is left out of the permit process. I want to
7 point out that we're not talking about a minor exemption
8 on the periphery of the law; we're talking about an
9 exemption which applies to 90 percent or more of the
10 major projects which are built in our cities which don't
11 meet the health standards. Because the statistics that
12 we have put forth, which no one in this case contests,
13 are that almost every major project built in a polluted
14 area is built within a plant, not at a new site. And in
15 almost every case, they have shown themselves to be able
16 to get their offset. When they comply with all three
17 conditions, they get their offset from inside the
18 plant. Anybody who can do that can certainly get the
19 offset that the government would like to make available
20 to avoid meeting the other requirements. So that 90
21 percent of the big projects are allowed to escape review.

22 The purposes, I would like to amplify a little
23 bit the purposes of the lowest achievable emission rate
24 technology requirement and the compliance requirement.
25 At page 39 of our brief we cite the three purposes given

1 by the House report. The lowest achievable emission
2 rate technology is there to make sure that these new
3 sources contribute as little new pollution as possible
4 to the area so that they minimize the conflict between
5 allowing growth and making progress toward the health
6 standards.

7 The second condition -- the second purpose is
8 to make it possible for an area to have as many new
9 sources as possible without compromising those health
10 standards. And the third reason is to serve the purpose
11 of advancing technology of improving the rate at which
12 it's developed and deployed on new sources. All of
13 those things are lost if lowest achievable emission rate
14 technology is not applied to these 90 percent of the
15 major projects.

16 The third requirement is the requirement to
17 demonstrate compliance. I refer you to page 39 of our
18 brief again. The House report language -- the House
19 report passages discussed there are ones in which the
20 House had found that there was an alarming level of
21 noncompliance with the law in 1975 and 1976, and they
22 sought to create a new incentive to comply by making
23 someone who wanted to build a new source responsible for
24 demonstrating that he was complying with the law with
25 the sources that he already owned. These are important

1 purposes which are rendered unachieved completely if
2 nothing applies, if not of these projects fall under the
3 definition of source and therefore under the permit
4 requirement.

5 It is a cardinal principle of statutory
6 construction that an agency can't rewrite a definition
7 to subvert specific statutory requirements that were
8 adopted to serve specifically articulated congressional
9 purposes, yet under this definition all three of the
10 important purposes Congress intended Section 173 to
11 serve are frustrated.

12 Now I want to amplify on an aspect of Justice
13 White's question of a few moments ago. The government
14 has suggested in its briefs that it doesn't make any
15 difference if all these things are lost, provided that
16 there is a plan which will on paper at least project
17 meeting the deadlines -- meeting the standards by the
18 deadlines of the law.

19 Congress has clearly decided that it's not
20 enough to have a plan that projects progress and
21 attainment by the deadlines. It has established a
22 two-track system which doesn't put all of its eggs in
23 one basket. In 1970, and again in 1977, Congress
24 specifically chose not to put total reliance on that
25 plan.

1 The history of the Act shows that that was a
2 wise judgment, because the plans alone don't work
3 sufficiently to meet the standards on time. In the
4 early '70s under the obligation to develop a plan to
5 meet the standards by 1975, every state submitted a plan
6 which it projected would do that. But when the '75
7 deadline passed, although there had been progress,
8 two-thirds of the nation's people still lived in areas
9 that didn't meet health standards.

10 In 1977, Congress called for a new round of
11 plans to meet the deadlines by 1982. But by the end of
12 1982, there were still more than 100 major metropolitan
13 areas which don't meet the health standards. The
14 projection of attainment all by itself is useful but not
15 reliable all by itself, and that's why it's backed up by
16 specific requirements that apply to major stationary
17 sources.

18 It seems to me a novel proposition that by
19 complying with one of those three conditions, albeit
20 only partly the offset condition, something which
21 otherwise would be a source, it's a thing by itself that
22 emits the requisite amount of pollution is not a source
23 at all anymore and can forget entirely about the other
24 conditions that would normally -- that it would normally
25 be subject to.

1 Now Justice Marshall asked a question about
2 situations in which EPA is applying --

3 QUESTION: Justice Marshall is --

4 MR. DONIGER: I'm sorry. Justice
5 Brennan --

6 QUESTION: -- indisposed today.

7 MR. DONIGER: -- in situations where there is
8 no state plan, that even on paper purports to provide a
9 method for getting to the standards on time. And that
10 situation is the construction moratorium situation, and
11 also EPA's offset ruling, two situations.

12 Both of these apply in situations where the
13 state either has not yet written the plan, or is overdue
14 for writing the plan. What EPA has said there is that
15 it's okay to use a definition which lets 90 percent of
16 the projects which would otherwise be subject to the
17 moratorium escape the moratorium, regardless of whether
18 they may increase pollution, and in spite of the fact
19 that they're not even being built with lowest achievable
20 emission rate technology and with a certification by the
21 source builder that its other sources are meeting the
22 requirements applicable to them.

23 So in that case, the government doesn't even
24 have the fig leaf of protection from the requirement
25 that the state have a plan that promises to meet the

1 standards on time.

2 One final argument that I'd like to mention
3 that the government makes is that, on the assumption
4 that it has some discretion in this area, on the
5 assumption that the statute doesn't require coverage of
6 these major units, the government is arguing that its
7 definition actually makes things better. And the
8 argument for that case is that, they say, that the older
9 definition which EPA had for 10 years, which covered the
10 units, might discourage in some instances the
11 replacement of a project which might be cleaner than the
12 thing that it was replacing.

13 QUESTION: How long has this provision that
14 we're fighting about been in force?

15 MR. DONIGER: The original definition which
16 covered units has been in effect from 1971 through
17 October of 1981, and the revised definition which allows
18 the units to escape the review has been in effect only
19 since October of 1981. And in the 10 prior years, we
20 had the units being covered.

21 In fact, in 1976 EPA established the offset
22 ruling -- excuse me. I would like to return to a
23 question about the law for a moment. One of the
24 government's arguments is that a provision explicitly
25 incorporating the unit definition was dropped from the

1 Senate bill in the 1977 Conference Committee.

2 In order to make that argument work, that the
3 dropping of that Section 302(m) was meaningful and was
4 intended to exclude -- to drop the unit definition, you
5 have to be able to show that the House bill coming to
6 the Conference intended something different than the
7 Senate bill. And I believe we can show that the House
8 bill covered units just as much as the Senate bill.

9 The House bill provided for new source review
10 by adopting into the law EPA's 1976 regulations. EPA's
11 1976 regulations specifically provided that every
12 building, structure, facility, or installation which
13 emits more than 100 tons was subject to this review
14 process. So the House came into the Conference with a
15 unit-specific definition; the Senate came in with a
16 unit-specific definition; they conferenced their
17 language to conform it into what we see in the final
18 law; and at the end of the Conference Senate Muskie went
19 back and explained to his colleagues that the bubble was
20 not allowed.

21 I think in that legislative history context it
22 is not credible to claim that Congress left open the
23 question whether units like boilers and blast furnaces
24 were covered by the permit requirements.

25 QUESTION: Would you comment on the -- perhaps

1 it's a superficial point, but the government makes the
2 argument that there's some at least inconsistency
3 between using the bubble concept in programs that are
4 designed to maintain quality as opposed to those that
5 are -- and then to forbid it in programs designed to
6 improve air quality. Is there some inconsistency
7 there?

8 MR. DONIGER: It's our position that all three
9 of these programs ought to have the same unit
10 definition. The Alabama Power case I think has been
11 misinterpreted by the government and --

12 QUESTION: You think it's been misinterpreted
13 by the Court of Appeals, too?

14 MR. DONIGER: I think so, in that if you read
15 that case, what it says is that -- well, the issue in
16 that case was whether EPA could aggregate small units
17 that were not major, in and of themselves, but were
18 built all at the same time into a group that together
19 emitted more than the threshold amount of pollution, and
20 then subject that group to new source review. And EPA
21 had done that by adopting a definition that included the
22 phrase "or combination thereof," combination of the
23 buildings, and structures, and so forth. And the Court
24 of Appeals said you can't do that; you're restricted to
25 those four words, but we think that it would be

1 reasonable for you to define "facility" or
2 "installation" not only as a unit but as a plant, tcc.

3 There you get the dual definition of the
4 source.

5 QUESTION: Didn't it require that different
6 definiticn?

7 MR. DONIGER: I believe it requires that --

8 QUESTION: I mean, required, not authorized.
9 It required that different --

10 MR. DONIGER: What it requires is that if you
11 are building a bunch of small units at the same time, or
12 you're adding a small unit, one that is not by itself
13 large enough to qualify as a major source -- i.e., by
14 itself it's not a 100-ton emitter -- then the only way
15 EPA can subject that thing to new source review is by
16 virtue of making it a modification of the whole plant.
17 And if the only way it is subject to new source review
18 is by virtue of it being a modification of the whole
19 plant, then you cught to -- then the symmetry of it is
20 that you have to let the plant owner get an offset
21 within the plant in order to eliminate the net increase
22 in its plant's emissions.

23 If that unit by itself is major in size, it
24 does emit more than 100 tons, or in the case of that
25 other program it's a higher level of 250 tons, but if

1 those thresholds are crossed, that thing, that boiler is
2 subject to review all on its own, regardless of whether
3 it's located on a greenfield site or in a plant.

4 But even if Alabama Power is rightly
5 interpreted as mandating a plantwide definition for the
6 program to limit how much worse pollution can get where
7 it's currently better than the standards, it is not
8 consistent with the purpose of reducing pollution to let
9 sources which it applies in this program, to let these
10 big projects escape from all the pollution reducing
11 requirements that are found in Section 173.

12 So to the extent the distinction means that
13 when the program is to reduce pollution it's not legal
14 to let these sources out of it, it's right. To the
15 extent that the distinction is used to say that even in
16 a pollution increasing program like part (C) you don't
17 need the unit definition, I think that that's a
18 misinterpretation of the opinion.

19 QUESTION: Well, your central position, then,
20 if I understand you, is that if you need say three
21 smaller units to be aggregated into one plant to qualify
22 as a source, you just have to be consistent in treating
23 that the same way.

24 MR. DONIGER: That's right.

25 QUESTION: And if each of the three was large

1 enough to be a source all by itself, then you're dealing
2 with three sources --

3 MR. DONIGER: That's right.

4 QUESTION: -- and you can't aggregate them
5 into a bubble.

6 MR. DONIGER: That's correct.

7 QUESTION: I see.

8 MR. DONIGER: I want to return to the
9 modernization argument for a moment, which I had started
10 on. EPA's position is that -- or argument is that
11 sometimes in a few cases you will find that a project is
12 delayed a little bit, which if it were allowed to be
13 built even with poor controls, would be cleaner than the
14 thing that it's replacing, and that this justifies
15 changing the definition.

16 What EPA has failed to do, though, is look at
17 all the instances in which the poorly controlled sources
18 result in more pollution than they would have if they
19 were subject to the permit requirement and those three
20 requirements were imposed.

21 This is a case just like *MVMA v. State Farm*
22 where the government's rationale -- again, assuming it
23 has some discretion -- is defective because it only
24 considers a small fragment of the problem before it. It
25 doesn't consider what happens in all the instances where

1 its definition makes things worse rather than better.

2 If there are no further questions, I will stop
3 here.

4 CHIEF JUSTICE BURGER: Mr. Bator, do you have
5 anything further?

6 ORAL ARGUMENT OF PAUL M. BATOR, ESQ.,

7 ON BEHALF OF PETITIONER - REBUTTAL

8 MR. BATOR: Yes, Your Honor. The difficulty
9 here is that we, the government, simply doesn't
10 recognize Mr. Doniger's description of the Act. It
11 seems to us that he has collapsed into one a dazzlingly
12 intricate statute, has given it a straightforward sort
13 of one-purpose interpretation, that there's only one
14 thing going on here, which is that Congress meant that
15 things move as fast as possible toward maximum expensive
16 technology.

17 Now in fact Congress -- and I don't know where
18 he was reading from when he said "the following are the
19 purposes of the statute." We read those reports and we
20 see that Congress had a number of different purposes in
21 mind: state flexibility --

22 QUESTION: What was Senator Muskie talking
23 about, for example?

24 MR. BATOR: Senator Muskie, from the
25 Conference Report, made one statement which we discuss

1 in our reply brief, which does seem to presuppose --
2 although it's somewhat ambiguous; he may just have been
3 saying that what he was insisting was that the new
4 provisions do apply to modifications as well as to new
5 construction.

6 QUESTION: What if that was what he was
7 saying? Does that make any difference to you?

8 MR. BATOR: I don't think, if that's all he
9 was saying, that it makes any difference. But we think
10 the most fundamental point here is that Congress was
11 trying to balance a number of different problems.

12 It found the '70 statute to be deficient
13 because it did not sufficiently balance the problem of
14 renewal and growth with the problem of achieving
15 attainment. Congress said, we want a different scheme.
16 So everything that Mr. Doniger says about the fact that
17 ever since 1971 this is the way it was defined, we have
18 here Congress saying we really want to take a slightly
19 different path. We want the states to have added
20 flexibility. And we have particularly in mind the
21 problem of disincentives to growth.

22 The bubble idea has behind it a very simple
23 and elegant idea, which is: That you will have
24 incentives to growth if you allow industry the
25 flexibility to spend its pollution dollars in the most

1 efficient rather than the least efficient way. If you
2 can reduce pollution by spending a million dollars on
3 machine A, that is a better idea than requiring you to
4 spend two million dollars on having the same reduction
5 by making you do it on machine B.

6 If I have a machine that is a very efficient
7 machine and I want to double its capacity and that will
8 create 200 new tons of pollution, it may cost a million
9 dollars to put LAER on that to bring that 200 back down
10 and to eliminate the 200. But I might be able to get
11 rid of the 200 simply by eliminating the next machine,
12 which is an inefficient machine.

13 Now Mr. Doniger's whole argument is that if we
14 insist on LAER on the new machine and eliminate the old
15 machine, we will get rid of 400 units. But you have
16 created a one million dollar extra cost on the expansion
17 of your efficient machine. The choice isn't between the
18 new machine with LAER or the new machine with LAER,
19 because the antecedent question is whether the plant
20 will put in the new machine. That is, the question is
21 on the incentives to renew at all.

22 Under the source definition, under the tight
23 definition that Mr. Doniger puts before you, we have the
24 antecedent question: Will there be renewal at all?

25 QUESTION: Well, I guess the question is

1 whether Congress has mandated that. That's all. It's
2 really not for us to determine --

3 MR. DONIGER: Yes. Absolutely.

4 QUESTION: -- which policy makes the more
5 sense. It's what Congress mandated.

6 MR. DONIGER: And Mr. Doniger comes here and
7 he says that Congress, by positive law, has eliminated
8 the administrator's discretion. And we say: Show us
9 where the law says that? Show us where the structure of
10 the statute requires that.

11 And then we get very complicated and rather
12 artificial explanations of why Congress said one thing
13 but meant another.

14 QUESTION: Well, your argument of course is
15 that they intended to change the statutory definition
16 and delegate to the administrator the power to define
17 source without saying so in so many words.

18 MR. DONIGER: Your Honor, that statutory
19 definition that he speaks about was never an all purpose
20 definition even back in --

21 QUESTION: No, but normally when you find a
22 term defined in the statute and you don't find any
23 alternative definitions, your first impression is it
24 probably has the same meaning throughout the statute --
25 at least that's the way I start when I read complicated

1 statutes.

2 MR. DONIGER: Your Honor, in this case
3 Congress was thinking about a particular program, which
4 of course was machine-oriented.

5 QUESTION: And one of the things they had to
6 do was to redefine the term "source," but they just sort
7 of did it implicitly, or allowed you to do it
8 implicitly, or allowed your client to do it
9 implicitly.

10 MR. DONIGER: Your Honor, our submission is
11 that Congress really wasn't focusing -- wasn't focusing
12 specifically on what should count as a "source" for new
13 source performance.]

14 QUESTION: Well, I thought that part of your
15 submission was that even with this alleged
16 definition --

17 MR. DONIGER: That is also the case.

18 QUESTION: -- that there is enough room right
19 within that language of buildings and so on for the
20 agency to do --

21 MR. DONIGER: That is our alternative
22 argument, Justice White, and that is the one that the
23 Court of Appeals, at least in these other contexts,
24 accepted.

25 QUESTION: Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHIEF JUSTICE BURGER: Thank you, gentlemen.

The case is submitted.

(Whereupon, at 2:57 o'clock p.m., the case in the above-entitled matter was submitted.)


CERTIFICATION

Alderson Reporting Company, Inc., hereby certifies that the attached pages represent an accurate transcription of electronic sound recording of the oral argument before the Supreme Court of the United States in the Matter of: #82-1005, 82-1247, 82-1591-CHEVRON U.S.A., INC., Petitioner v. NATURAL RESOURCES DEFENSE COUNCIL, INC., ET AL.

AMERICAN IRON AND STEEL INSTITUTE, ET AL., Petitioners v. NATURAL RESOURCES DEFENSE COUNCIL, INC., ET AL.; AND WILLIAM D. RUCKELSHAUS, ADMINISTRATOR, ENVIRONMENTAL PROTECTION AGENCY, Petitioner v. NATURAL RESOURCES DEFENSE COUNCIL, INC., ET AL.

and that these attached pages constitute the original transcript of the proceedings for the records of the court.

BY



(REPORTER)

84 MAR -6 P3:13

RECEIVED
SUPREME COURT, U.S.
MARSHAL'S OFFICE